

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DONLIN GOLD PROJECT
DRAFT ENVIRONMENTAL IMPACT STATEMENT
PUBLIC MEETING

HOLY CROSS, ALASKA

Taken April 6, 2016
Commencing at 1:15 p.m.

Volume I - Pages 1 - 62, inclusive

Taken at
Holy Cross City Hall
Holy Cross, Alaska

Reported by:
Mary A. Vavrik, RMR

Page 2

1 For U.S. Army Corps of Engineers:
 2 Keith Gordon
 3 Project Manager
 4 For U.S. Bureau of Land Management:
 5 Alan Bittner
 6 Anchorage Field Office Manager
 7 For AECOM:
 8 Taylor Brelsford
 9 Social Science Lead
 10 Nancy Darigo
 11 Physical Science Lead
 12 Jessica Evans
 13 Public Involvement Lead
 14 David Every
 15 Biological Science Lead
 16 Donne Fleagle
 17 Senior Rural Outreach Lead
 18 Taken by:
 19 Mary A. Vavrik, RMR
 20
 21 BE IT KNOWN that the aforementioned proceedings were taken
 22 at the time and place duly noted on the title page, before
 23 Mary A. Vavrik, Registered Merit Reporter and Notary
 24 Public within and for the State of Alaska.
 25

Page 4

1 Our role as the federal lead is to facilitate
 2 development of that document and assist everybody else in
 3 gaining the information they need so they can draw
 4 conclusions regarding whether or not the project should be
 5 permitted as Donlin has proposed, whether some alternative
 6 to the project should be permitted or whether we wouldn't
 7 permit the project at all.
 8 Please note that the Draft Environmental Impact
 9 Statement that is out there is a draft document. The
 10 analyses are draft and the conclusions are draft. So we
 11 have made no final decisions yet. And we will talk about
 12 that a little bit more as we go through the process today.
 13 On the bottom of the screen up there, you can see
 14 five of the six symbols related to the federal and State
 15 agencies that are cooperating agencies involved in
 16 development of the Environmental Impact Statement, as well
 17 as half a dozen Native communities that are assisting us
 18 in development of the Draft Environmental Impact
 19 Statement. The role of the cooperators are to help us
 20 analyze the potential impacts of what Donlin is proposing,
 21 analyze the alternatives and give us an indication of
 22 whether or not we have appropriately defined the potential
 23 impacts of the project.
 24 The agenda for today is to discuss what I just
 25 mentioned to you in relation to the Draft Environmental

Page 3

1 P-R-O-C-E-E-D-I-N-G-S
 2 **MR. KEITH GORDON:** Good afternoon. What
 3 Donne is referring to is if you would like to make
 4 comments on the draft EIS, it just helps us if you take a
 5 number so that I call folks in the right order. You don't
 6 have to have a number to do that. And when we go to the
 7 public hearing, you can also offer testimony on that.
 8 My name is Keith Gordon. I'm a project manager with
 9 the United States Army Corps of Engineers Alaska District
 10 Regulatory Division. Our purpose today is to give you
 11 some information on the status of the Donlin Draft
 12 Environmental Impact Statement and primarily how you can
 13 comment on that Draft Environmental Impact Statement.
 14 We also are going to do a BLM 810 ANILCA hearing to
 15 take your testimony on potential subsistence impacts of
 16 the project. And Mr. Alan Bittner with the Bureau of Land
 17 Management will give you some information on that in a
 18 couple of minutes.
 19 So why is the Army Corps of Engineers out here
 20 talking to you about a gold mine Donlin is proposing to
 21 construct? The Army Corps of Engineers is the federal
 22 lead agency for development of the Environmental Impact
 23 Statement that discloses the impacts of that proposed
 24 project, as well as contains analyses related to the
 25 potential impacts of it.

Page 5

1 Impact Statement and how you can comment on the Draft
 2 Environmental Impact Statement.
 3 After I go through this approximately just over
 4 30-minute presentation about where we are at on the
 5 project, we will do a poster session. You can see on the
 6 wall that we have about a dozen posters that we have hung
 7 up. Three in the corner over here -- actually four, I
 8 believe, define the project Donlin is proposing to
 9 construct, and then the rest of the posters around the
 10 room give you information on primary impacts of the
 11 project that folks were concerned about when we came out
 12 through the communities between December of 2012 and early
 13 2013 to do scoping meetings to define potential impacts of
 14 the project. So that poster session will last 30 to 45
 15 minutes, however long you all would like it to last.
 16 After the poster session, we will reconvene and
 17 formally take your comments on the Draft Environmental
 18 Impact Statement, followed by the Bureau of Land
 19 Management conducting the 810 ANILCA hearing I mentioned a
 20 few minutes ago. That will give you an opportunity to
 21 formally comment on potential impacts to subsistence of
 22 the proposed project. And Mr. Alan Bittner with the
 23 Bureau of Land Management will give you a little
 24 information on that hearing.
 25 **MR. ALAN BITTNER:** My name is Alan

Page 6

1 Bittner, the field manager for the Anchorage field office.
 2 And because of our involvement in the project and the
 3 potential impacts to subsistence resources by the three
 4 components of the project, we have done an analysis of
 5 subsistence impacts, a preliminary finding. And there is
 6 copies of that over on the table, as well. But we will
 7 give a short presentation on that, and we will also
 8 conduct a short hearing.
 9 So if there is any impacts, either positive or
 10 negative, related to subsistence that you are aware of, it
 11 would be great to hear from you either today or in written
 12 comments. Thank you.
 13 **MR. KEITH GORDON:** Thank you, Alan.
 14 So basically at this point in time, I'll try to give
 15 you a little bit of information on the project Donlin is
 16 proposing to construct before we start talking about the
 17 Environmental Impact Statement.
 18 The proposed Donlin project has three primary
 19 components: The mine site, the transportation
 20 infrastructure related to the proposed project, and the
 21 mine site and the pipeline that would supply natural gas
 22 to the project.
 23 So we will start with the first primary component,
 24 which is the mine site itself. The mine site is broken
 25 also into three primary components. The first one that

Page 7

1 you see depicted by No. 1 on the screen is the mine pit
 2 itself. Actually, what Donlin is proposing to do is open
 3 two pits, the ACMA and Lewis pits, and over the process of
 4 the mine life, those two pits would be commingled into a
 5 single pit. That single pit would occupy about 2.2 square
 6 miles in size. And if you are measuring the depth of the
 7 pit, depending on whether or not you are measuring the
 8 depth from the low side or the high side, you would
 9 determine that the pit is either 1,100 feet deep or 1,850
 10 feet deep, depending on which side you take the
 11 measurements.
 12 The second primary component of the project that you
 13 see on the slide up there is the tailings storage
 14 facility. Tailings are basically crushed rock that is the
 15 waste that results from the milling process after the gold
 16 is extracted from the ore. So after Donlin takes the
 17 rock, the ore that contains -- rock that contains gold is
 18 ore.
 19 So after they take the ore and run it through the
 20 mill and crush it, remove the gold via a chemical process,
 21 the ground-up rock, the water and some residual chemicals
 22 form a slurry, and that slurry would go into this tailings
 23 storage facility. That tailings storage facility is a
 24 partial valley fill. It's about 3.5 square miles in size,
 25 and on the downslope side you have a large earthen dam

Page 8

1 which would retain the tailings and the water behind it.
 2 That facility as well as the mine site and the waste rock
 3 facility we are about to talk about will remain
 4 effectively in perpetuity if we permit the project.
 5 So a third primary component that I just mentioned is
 6 the waste rock facility. That waste rock facility is also
 7 about 3.5 square miles in size as proposed. Waste rock is
 8 either the rock overburden that you have to remove to get
 9 to the ore, or it's ore that just doesn't contain enough
 10 gold to be economical to run through the mill. And the
 11 waste rock just needs to be piled up somewhere, and that's
 12 where they are proposing to pile it.
 13 You can see a variety of other facilities on that
 14 slide: The mill facility, and then there is a variety of
 15 water supply dams that would be needed during operations.
 16 One of the things to keep in mind is that -- we'll
 17 talk about reclamation in about 20 minutes. Reclamation
 18 of these facilities would include the pit lake that's
 19 expected to take 50 to 55 years to fill with water, and
 20 after the mining ceases, that pit would just be a large
 21 lake that would stay there in perpetuity. The tailings
 22 storage facility would be recontoured to facilitate some
 23 degree of revegetation and remain in perpetuity. The
 24 waste rock facility would also be recontoured and remain
 25 in perpetuity. All but potentially one of the small dams

Page 9

1 that are water supply dams would be removed.
 2 Okay. The second primary component of Donlin's
 3 proposed project is the transportation infrastructure.
 4 What you can see by that pinkish blob in the center of the
 5 screen is the proposed mine site. Donlin is proposing to
 6 barge virtually all the fuel, diesel fuel and cargo that
 7 they need to operate the mine up the Kuskokwim River to a
 8 new private industrial port site at Jungjuk, which is
 9 depicted on the slide. They propose to run a 30-mile long
 10 road to connect the Jungjuk port to the mine site, and
 11 there would need to be a variety of gravel pits generated,
 12 developed along that road to construct the road and
 13 maintain the road.
 14 Donlin would also need to construct a 5,000-foot
 15 airstrip that you can see depicted on the slide to provide
 16 access for workers, whether it's construction or during
 17 operations at the mine site. And you can see the camp
 18 facility depicted, as well.
 19 You will also note that between the port site at
 20 Jungjuk and the mine site, they would need to store
 21 approximately 40 million gallons of diesel every year.
 22 The project -- the projected mine life is 27 and a half
 23 years after construction is completed. And so they would
 24 be burning approximately 40 million gallons of diesel per
 25 year for 27 and a half years. And that refers to

Page 10

1 operation of the mining equipment itself.
 2 As far as operation of the mill facilities, a lot of
 3 the other facilities, the camp facilities, et cetera,
 4 Donlin is proposing to construct a 315-mile long, 14-inch
 5 diameter buried steel pipeline that would run from the
 6 western side of Cook Inlet approximately at Beluga through
 7 the Alaska Range over to the mine site. This pipeline, as
 8 is mentioned, would be buried pipeline. What would be
 9 left behind after the pipeline is constructed is a
 10 corridor through the vegetation so that Donlin can do
 11 inspections routinely each year and during the year just
 12 to make sure that the pipeline integrity is intact.
 13 The project as proposed would take three to four
 14 years to construct, is proposed to operate for 27 and a
 15 half years. I mentioned closure and reclamation a few
 16 minutes ago. Donlin, of course, would be required to do a
 17 reclamation on a variety of the facilities that they
 18 develop.
 19 To give you an idea of the scale of the project
 20 overall, the total footprint of all development proposed
 21 for this project is 26 square miles. The vast majority of
 22 that would need to be reclaimed to one degree or another.
 23 I mentioned the pit lake. Well, there wouldn't be any
 24 reclamation for the pit, really. Some of the rock that
 25 needs to be stored where it's not exposed to air would go

Page 11

1 into the pit, and then the pit would fill with water.
 2 That's all the reclamation the pit would see.
 3 And I mentioned that the tailings storage facility
 4 and the waste rock facility would be recontoured to
 5 facilitate revegetation to a degree. That's the
 6 reclamation for those facilities. There is a variety of
 7 other facilities, the mill facility, et cetera. There is
 8 a whole variety of those facilities that actually would be
 9 largely reclaimed. Organic material would be placed over
 10 their former footprints after the infrastructure was
 11 removed. They would be allowed to revegetate.
 12 There are, however, a variety of facilities that
 13 would be left in place. That 30-mile long road would be
 14 left simply because during construction, during operations
 15 and post operations, any water that Donlin is releasing
 16 off of the mine site would have to meet State and federal
 17 water quality standards. Therefore, the pit, as you can
 18 tell, annually it's going to have more water moving into
 19 it. Whether it's from direct precipitation, whether it's
 20 from snowfall, whether it's from groundwater infiltration,
 21 it's going to continue to fill. So the water is going to
 22 go somewhere, otherwise it's going to go over the top and
 23 have an uncontrolled release.
 24 Well, to release water, Donlin would have to treat it
 25 to State and federal water quality standards, so therefore

Page 12

1 that would have to happen in perpetuity once the mine
 2 ceases operation. Effectively, forever. Therefore, a
 3 small portion of the port and the road would remain so
 4 they have access to that facility to do the water
 5 treatment and maintain those facilities.
 6 In relation to the pipeline, the pipeline itself
 7 would be decommissioned, assuming nobody else decided they
 8 wanted to use it after Donlin was done with it. The
 9 pipeline would stay in the ground. The corridor would be
 10 allowed to revegetate. For those few places where there
 11 is a fault crossing or some other crossing that involves
 12 the pipeline being above ground for a very brief segment,
 13 those portions of the pipeline would be removed.
 14 The shoofly roads, these are temporary construction
 15 roads that are needed either to actually do the
 16 construction of the pipeline or to access gravel or access
 17 water for construction. Those roads are proposed to stay
 18 in place, so the gravel fill, the road prism, would
 19 remain. And they would put some material onto it to
 20 facilitate revegetation, but that's a type of reclamation
 21 that's a minimal reclamation. So you could expect to see
 22 those remain.
 23 But please note, there is no proposed road along the
 24 entire length of the proposed pipeline. It's just short
 25 segments of construction road where they are needed. And

Page 13

1 I believe that covers it.
 2 The next two slides just give you a depiction of a
 3 variety of federal and State permits primarily required
 4 for Donlin to get approval for this project. There are
 5 over 100 authorizations required before the project could
 6 go forward as Donlin is currently proposing it.
 7 These are the major State permits required. And we
 8 are in the process of doing the EIS, but one of the
 9 purposes of the EIS is to facilitate decision making for
 10 individuals doing permitting, whether it's federal, State
 11 agencies, tribal entities, et cetera; the information is
 12 available to anyone that wants to use it.
 13 So as far as where are we at in this process? The
 14 Corps of Engineers and folks were out here somewhere
 15 between December of 2012 and March of 2013 for the scoping
 16 process. That's when they came in and they talked to you
 17 all and said, okay, for this EIS what are the things we
 18 should be concerned about, what are the things that we
 19 should include in our analysis and EIS. And nine of the
 20 posters on the wall contain those primary concerns that
 21 were expressed during the scoping process. And I'll
 22 introduce the folks in a few minutes who can give you more
 23 information on the issues and draft analyses and draft
 24 conclusions contained on those posters.
 25 The draft EIS was put out for public comment on

Page 14

1 November 27 of 2015. We are currently in the review
 2 process for it. And currently the comment period closes
 3 April 30 of 2016. So the end of this month.
 4 When we get comments on -- the comments you may make
 5 today or sometime before the comment period closes, when
 6 we get your comments, how will we address your comments?
 7 Well, we may be able to respond to some comments today,
 8 but primarily today we will take your comments and we'll
 9 take your testimony, and your comments or testimony will
 10 be responded to when the Final Environmental Impact
 11 Statement comes out. That's approximately summer of 2017.
 12 Then the federal agencies that would use the EIS to
 13 actually formally make decisions -- that would be the
 14 Bureau of Land Management, the Pipeline Hazardous
 15 Materials Safety Administration, and the Army Corps of
 16 Engineers -- would produce Records of Decision that
 17 indicate whether or not we felt we could permit the
 18 project as Donlin is proposing it, whether we could permit
 19 some alternative to what they are proposing, or whether we
 20 could not permit the project at all.
 21 Okay. Briefly I'll give you information on what's in
 22 the first half a dozen chapters of the Draft Environmental
 23 Impact Statement by way of giving you some idea of what
 24 you might want to comment on and where you could find it.
 25 Chapter 1 is the purpose and need for the project as

Page 16

1 final conclusions. We can't do that if we inappropriately
 2 weight the economics of this project to one entity or
 3 another too far off center.
 4 As you can see on the screen, we have also defined
 5 the need for what Donlin is proposing. That largely is
 6 what Chapter 1 tells you in the Environmental Impact
 7 Statement.
 8 One of the ways we are required to do an analysis and
 9 one of the ways we potentially limit impacts of proposed
 10 projects is to develop alternatives to proposed projects.
 11 What you can see on the screen are the seven alternatives
 12 that we have carried forward for detailed analysis in the
 13 EIS. We had over 300 options that were considered as ways
 14 we might develop an alternative to the proposed project.
 15 Those 300 options were weeded down into these seven
 16 alternatives that are considered in substantial detail.
 17 What we need to know from you all is, did we consider
 18 enough things. One of the things that a gentleman brought
 19 up at a meeting yesterday was, well, you are talking about
 20 a natural gas pipeline; that is, Donlin is proposing to
 21 supply natural gas to the mine site. And one of your
 22 alternatives is Alternative 3B, a diesel pipeline that
 23 would replace the natural gas pipeline with a diesel
 24 pipeline. Well, have you considered the alternative of
 25 having both the natural gas pipeline and the diesel

Page 15

1 proposed. Because of the Army Corps of Engineers' role as
 2 the lead federal agency under the National Environmental
 3 Policy Act and our authorities under Section 10 and 404 in
 4 relation to permitting potential impacts of the project,
 5 it's incumbent on our agency to define both overall and
 6 basic purposes of the project as proposed. What you will
 7 find in the document is an overall purpose that is
 8 slightly different than what you see on the screen.
 9 And the reason I'm bringing that up is because, for
 10 bureaucratic reasons, I have to note this. The overall
 11 purpose that we are basing our analyses on is what you see
 12 on that screen. What we have in the document after the
 13 words "Western Alaska," there is another half a sentence,
 14 and that half a sentence says that part of our purpose is
 15 to maximize economic benefit for Donlin stockholders,
 16 Calista and TKC shareholders. That part was intended to
 17 be removed before the document went out.
 18 We are fully aware of the potential positive
 19 socioeconomic benefits of this project in the Yukon and
 20 Kuskokwim River regions, and we are aware of the potential
 21 negative impacts socioeconomically of this project.
 22 However, the Army Corps of Engineers' role is to do
 23 unbiased middle-of-the-road analyses of the potential
 24 impacts of this project, to disclose those to you,
 25 disclose the analysis and get your comments and come to

Page 17

1 pipeline running together? That's the kind of thing we
 2 are looking for when you all make comments on the EIS, is
 3 that an alternative we should analyze.
 4 Look at the 300 options that you will see in an
 5 appendix to this document and let us know if we have
 6 adequately considered the types of things that could be
 7 considered alternatives to what Donlin is proposing.
 8 And an alternative, as I mentioned, is something that
 9 would reduce, minimize or avoid potential negative impacts
 10 of the project, or it can easily also be an alternative
 11 that would make the project more economically beneficial,
 12 either for the Yukon-Kuskokwim River region, for Donlin,
 13 whomever.
 14 Okay. So of the alternatives on the screen, what are
 15 we actually talking about? As we go through them, I'm
 16 only going to talk about six of them. The one that I'm
 17 not going to talk about is Donlin's proposed action,
 18 Alternative 2, because that we have already described in
 19 the first few slides that we have looked at, and that's
 20 the alternative that we are comparing all these other
 21 alternatives to.
 22 So what is Alternative 1? Alternative 1 is an
 23 alternative that the National Environmental Policy Act
 24 requires that we look at. Alternative 1 is the no action
 25 alternative. To do functional analyses, unbiased

Page 18

1 analyses, we need to start by comparing all the potential
 2 impacts of a project and the impacts of all the
 3 alternatives to what actually exists out here now. That's
 4 all Alternative 1 is.
 5 Alternative 1 is the baseline condition. It's what
 6 actually exists in the Yukon-Kuskokwim River region now
 7 from the standpoint of the barging that happens now, the
 8 subsistence activities that happen now, the socioeconomic
 9 status of the region, the cultural status of the region,
 10 et cetera. So that's what we are comparing everything
 11 else to as we look at Donlin's proposed action and these
 12 others.
 13 The next alternative that we are talking about is
 14 Alternative 3A. Remember 2 was Donlin's proposed action.
 15 Alternative 3A is called an LNG-powered haul truck
 16 alternative. As I mentioned, the reason for looking at
 17 alternatives is to find ways to minimize, avoid, mitigate,
 18 offset potential negative impacts of a project.
 19 Alternative 3A means that we would power the haul
 20 trucks at the mine site, those 300-ton payload trucks that
 21 would actually move the rock inside the mine pit or to the
 22 waste rock facility or to the mill. Those trucks would be
 23 powered with liquid natural gas instead of powering them
 24 with diesel. Therefore, this alternative has the benefit
 25 of reducing the amount of diesel that needs to be barged

Page 19

1 to the mine site, therefore reducing the potential
 2 negative impacts of barging, also potentially reducing the
 3 amount of diesel you have to store, reducing the amount of
 4 diesel which could be spilled, reducing the amount of
 5 diesel that would be burned and generate some degree of
 6 negative air emission.
 7 Good afternoon. We will take a break for a couple
 8 minutes while you get signed in. After you get signed in,
 9 there is tangerines over here, chocolate chip cookies,
 10 chocolate milk, et cetera.
 11 (Off the record.)
 12 **MR. KEITH GORDON:** Let me take one minute
 13 to give you guys an idea of where we started from. And it
 14 will only take about a minute. We're here today to talk
 15 about the Draft Environmental Impact Statement that
 16 discloses the potential impacts of Donlin's proposed gold
 17 mine project. We are going to do a presentation. We are
 18 going to give you some information on the posters you see
 19 in the room. We are going to take comments on the draft
 20 EIS and testimony in relation to the potential subsistence
 21 impacts of the project.
 22 Donlin's proposed project, as you may be aware,
 23 consists of what would be the largest open pit mine the
 24 state of Alaska has ever seen. On this slide you see the
 25 mine depicted under No. 1. The tailings storage facility,

Page 20

1 the ground-up rock that would be left over after ore is
 2 processed through the mill, is No. 2. And the waste rock
 3 facility, the rock that just is not processed, just is
 4 waste, in No. 3.
 5 Donlin is also proposing to construct an industrial
 6 port on the Jungjuk River downstream of Crooked Creek.
 7 The mine itself would be constructed about ten miles north
 8 of Crooked Creek, and they are proposing to construct a
 9 30-mile access road between the mine site and the proposed
 10 port facility to receive cargo and fuel for the project.
 11 Donlin is also proposing to construct a 315-mile long
 12 buried natural gas pipeline running from the west side of
 13 Cook Inlet over to the mine site to supply natural gas to
 14 the project to power the mill and the camp and a variety
 15 of other facilities.
 16 The project as proposed would take three to four
 17 years to construct, 27 and a half years to operate as it's
 18 currently proposed, followed by closing and reclaiming to
 19 various degrees a variety of the facilities proposed to be
 20 constructed. There are over 100 federal and State
 21 permits, tribal and other entities' authorizations
 22 required for Donlin to construct their proposed project.
 23 This is just an indication of where we are at in the
 24 process. We started the process by doing some scoping,
 25 coming out to the communities and getting input on what

Page 21

1 you all feel we need to analyze in relation to the
 2 potential impacts of this project. And nine of the
 3 posters on the wall around here relate to the various
 4 issues people were concerned about when we did scoping.
 5 That's impacts to subsistence, socioeconomic impacts,
 6 fisheries impacts, barge traffic impacts, et cetera.
 7 After we get your comments on the Draft Environmental
 8 Impact Statement, we will produce a Final Environmental
 9 Impact Statement and then make decisions regarding whether
 10 or not we will permit the project as Donlin is proposing
 11 it, permit some alternative to the project, or don't
 12 permit anything at all.
 13 This is just the purpose of the project as we have
 14 defined it for purposes of our analyses and the need for
 15 the project as Donlin -- as we have determined.
 16 There are a variety of alternatives that we were
 17 starting to talk about before you all came in. And the no
 18 action alternative is the alternative we compare
 19 everything else to; Donlin's proposed action, the mine
 20 site, which is Alternative 2, and all these other
 21 alternatives.
 22 These alternatives are developed to minimize or
 23 offset potential negative impacts of projects, potentially
 24 finding a better way to do a project someone is proposing.
 25 And since we discussed Alternative 2 earlier, I was not

Page 22

1 going to go into any substantial detail. Alternative 2 is
 2 basically what Donlin is proposing.
 3 Alternative 3A, the LNG-powered haul truck
 4 alternative, is an alternative that just means that the
 5 300-ton payload trucks that would move rock around inside
 6 the pit to the waste rock facility to the mill facility,
 7 those trucks would actually be powered by liquid natural
 8 gas instead of diesel, therefore limiting the amount of
 9 diesel that would need to be barged to the facility,
 10 limiting the amount of diesel that would be consumed,
 11 limiting the amount of diesel that could potentially be
 12 spilled.
 13 Alternative 3B is the diesel pipeline alternative.
 14 This alternative means that that 315-mile long natural gas
 15 pipeline would actually be replaced with a 334-mile long
 16 diesel pipeline; therefore, all those facilities that
 17 would have been powered by natural gas would actually be
 18 powered by diesel. If this alternative went forward, it
 19 means an additional 19-mile segment added to the pipeline,
 20 running from the proposed initiation of the natural gas
 21 pipeline at Beluga down to Tyonek. It means improvement
 22 of the North Foreland Barge Facility at Tyonek.
 23 But primarily, from the standpoint of offsetting
 24 potential impacts of what Donlin is proposing, this
 25 alternative means a substantial reduction in barging on

Page 23

1 the Kuskokwim River because the diesel that would have to
 2 be barged up the river, those 40 million gallons per year
 3 for 27 and a half years, that would now actually be barged
 4 through Cook Inlet over to a facility immediately south of
 5 Tyonek, which would be pumped into that pipeline and the
 6 pipeline would route it all the way to the mine site.
 7 But of course, anytime we're talking about an
 8 alternative, we are talking about changing the potential
 9 impacts of a project, obviously. So some of the offsets
 10 for impacts of this alternative versus what Donlin is
 11 proposing, if this 315-mile long natural gas pipeline is
 12 constructed, what happens if you have a crack in or a
 13 rupture of a natural gas pipeline? Well, you have natural
 14 gas under pressure blasting out of a pipe. Where does it
 15 go? It goes into the air, and it will dissipate over some
 16 period of time over some distance.
 17 What happens if you have a leak or a rupture of a
 18 diesel pipeline? Well, you know what happens with diesel.
 19 It's a terrestrial spill and/or an aquatic spill. So if
 20 we go with this alternative versus what Donlin is
 21 proposing, again, we are changing the potential impacts of
 22 the proposed project. Therefore, every time we are
 23 changing potential impacts, we have to change how we weigh
 24 and balance these impacts one versus another when we do
 25 the analyses. So for every one of these alternatives,

Page 24

1 subsistence impacts have a given weight under one
 2 alternative. If you look at another alternative, some
 3 aspects of that alternative change some aspects of the
 4 subsistence analysis under that other alternative.
 5 Alternative 4 is the last alternative we will talk
 6 about that deals with minimizing potential impacts of the
 7 barge traffic, primarily. I talked about that proposed
 8 port facility just downstream of Crooked Creek connected
 9 by that 30-mile road to the mine site, the proposed port
 10 site at Jungjuk. Well, this alternative has a proposed
 11 industrial port site at Birch Tree Crossing versus
 12 Jungjuk.
 13 So what's the difference to this alternative? Well,
 14 if this alternative went forward versus what Donlin is
 15 proposing, you can see that the mine site is the red blob
 16 on the screen, and there is a short road running south to
 17 Crooked Creek. Also on the screen you see the 30-mile
 18 road Donlin is proposing to construct to their proposed
 19 port site at Jungjuk. This Alternative 4 is depicted in
 20 purple on the screen. What it means is that a 76-mile
 21 road would be constructed from the mine site down to Birch
 22 Tree Crossing.
 23 So what happens if this alternative goes forward?
 24 Well, the advantage of this alternative -- there is a
 25 disadvantage. The disadvantage of this alternative is

Page 25

1 that we are talking 76 miles of road versus 30 miles of
 2 road, which means we are talking the trucks have to run
 3 two and a half times the distance; therefore, the trucks
 4 are burning more diesel; therefore, you have more negative
 5 air emissions coming in relation to those trucks operating
 6 longer and burning more diesel.
 7 Well, what are the positive benefits of this
 8 alternative? The positive benefits of this alternative,
 9 as you all know, barges can strand on the Kuskokwim River,
 10 and stranding barges has the potential for spill,
 11 et cetera. Well, if you look at this facility, this
 12 proposed facility, it's approximately 75 miles downriver
 13 from the proposed Jungjuk port site. And of the half a
 14 dozen areas we are aware you have potential for stranding
 15 on the upper Kuskokwim River, five of those six areas are
 16 upstream of Birch Tree Crossing.
 17 So if this alternative went forward, you are reducing
 18 the total number of river miles you have to barge cargo
 19 and fuel. You are avoiding five and six areas where we
 20 know there is a potential for stranding. If you are
 21 reducing the distance you barge diesel -- I talked about
 22 the fact that you have more negative air emissions because
 23 you have to truck cargo farther. Well, you also have less
 24 negative air emissions with barging because you are not
 25 barging the cargo as far. So again, every time we change

Page 26

1 alternatives, we change the analyses we are doing.
 2 And what we need to know from you all is: Are the
 3 draft analyses in the document accurate? Do you think
 4 they're correct? Do you think the draft conclusions are
 5 correct? We need your opinions on whether or not we
 6 understand the environment as it exists out here, both the
 7 natural and human environment, and do we understand the
 8 potential impacts of this project, both positive and
 9 negative.
 10 Alternative 5A, we are now going to talk about an
 11 alternative to tailings disposal. I mentioned the
 12 tailings, the ground-up rock that's left over after the
 13 ore is processed through the mill, goes to the tailings
 14 facility in the form of a slurry, ground rock, water and
 15 some residual chemicals. Well, this alternatives takes
 16 that slurry and dries it out almost to a dry state.
 17 Dry stack tailings means that the water is removed
 18 from the tailings before they go into the tailings
 19 facility. So what does that look like? What it looks
 20 like is it's in the same valley, so a portion of that same
 21 valley would be filled in perpetuity with tailings, but
 22 the tailings are much drier. Because they are drier, they
 23 can be stacked much higher. And as a result of that, the
 24 footprint of the tailings is much smaller in relation to
 25 the tailings themselves.

Page 27

1 One of the negative impacts of this alternative is if
 2 you stack those tailings higher, there is more potential
 3 dust dispersion around the whole area from windborne
 4 erosion of those tailings.
 5 There is a proposal under this alternative to cap
 6 those tailings at the end of the mining operation and
 7 attempt some revegetation by placing organic material over
 8 that liner that would close it all in. But also note that
 9 under this alternative, instead of one downslope dam that
 10 contains the tailings and the water that would be
 11 contained within them under Donlin's proposal, we now have
 12 two smaller dams retaining the tailings and we have a
 13 single larger dam downslope containing all the water that
 14 would have to be removed from those tailings.
 15 So it's important to note that that water, that
 16 operating pond that you see there, is only there during
 17 the operating life of the mine. When mining ceased, that
 18 pond would be pumped over to the pit lake, and the water
 19 would be retained in that pit lake until either it
 20 evaporated or it was treated and released back into
 21 Crooked Creek, into the Kuskokwim River, or somewhere else
 22 in the watershed.
 23 Alternative 6A, the Dalzell Gorge pipeline route. We
 24 talked about the various options we looked at. We had, I
 25 believe, at least a half a dozen different alternatives to

Page 28

1 Donlin's proposed pipeline route that were looked at.
 2 This is the one that survived for detailed analysis in the
 3 draft EIS. This alternative, one of the advantages of it
 4 is that the pipeline is about two miles shorter than what
 5 Donlin is proposing. However, one of the disadvantages of
 6 this alternative is that the Iditarod National Historic
 7 Trail has more negative impacts, in that this route has
 8 more potential impact to the trail.
 9 You can see Donlin's proposed route depicted in gold
 10 on the screen. Alternative 6A, the Dalzell Gorge pipeline
 11 route which runs through Rainy Pass through the Dalzell
 12 Gorge and along the south fork of the Kuskokwim, is
 13 depicted in purple.
 14 Those are the alternatives that are currently
 15 contained in Chapter 2. And again, what we would like to
 16 know is: Did we do an adequate analyses of alternatives?
 17 Are there other alternatives that we should have
 18 considered that we didn't? Did we draw correct
 19 conclusions about the alternatives that we did consider?
 20 Okay. Chapter 3 of the document is basically the
 21 heart of the document. It contains the environmental
 22 analyses, the draft analyses, the draft conclusions
 23 regarding the potential impacts of the project. You can
 24 see on the screen an example of the analyses as it relates
 25 to the barge traffic impacts of the proposed project.

Page 29

1 There are 26 major resource issues that we have
 2 defined and included in our analyses. 14 of those major
 3 resource issues are on the screen because we think they
 4 are potentially impacted by barge traffic. And obviously,
 5 as you can see, that's everything from recreation to
 6 wildlife to water quality to climate change. It's just a
 7 little bit of everything. What we need to know, again,
 8 is: Are the draft analyses and are the draft conclusions
 9 functional?
 10 Okay. So if we are going to talk about barge
 11 traffic, which is what we are going to use to provide a
 12 couple of examples of the analyses and the conclusions, we
 13 need to talk about barge traffic as it currently exists on
 14 the Kuskokwim River. And what we need to know from you
 15 all is: Do we have an adequate understanding of barging
 16 on the Kuskokwim River as it currently exists?
 17 The burnt gold color on the bottom of the screen
 18 represents barging as it currently exists on the Kuskokwim
 19 River. So what you can see on these bar graphs is on the
 20 left side of the screen, you see the construction impacts
 21 under these four bar graphs. And what you see is
 22 Alternative 1 is on the far left side of the screen, and
 23 there are several other alternatives on the next bar
 24 graph, and the last two bar graphs are Alternative 3A and
 25 3B.

Page 30

1 As I mentioned, the burnt cold color is the
 2 alternatives that currently exist. I'm sorry. The
 3 barging that currently exists. As we understand it, there
 4 are currently 68 barges -- riverine barges is what we are
 5 referring to, not marine barges -- that leave Bethel every
 6 year, and the configuration is typically one tug and two
 7 barges going upstream some distance before they return
 8 back to Bethel or somewhere else.
 9 What is currently happening on the Kuskokwim River is
 10 basically light duty commercial barging with -- if we
 11 compare what is currently happening with what Donlin is
 12 proposing, if you were to be standing on some portion of
 13 the Kuskokwim River last summer, in a 24-hour period what
 14 you would typically have seen is a small tug pushing one
 15 or two barges upstream some distance. So a tug and one or
 16 two barges would pass you in 24 hours.
 17 If Donlin's project is constructed, Donlin is
 18 proposing to use larger tugs pushing for cargo four barges
 19 each time a tug goes upriver or one or two fuel barges
 20 every time a tug goes upriver. And please note that
 21 that's -- every time -- every time a tug goes upriver,
 22 sometimes it's cargo, sometimes it's fuel. In that same
 23 24-hour period if you were standing on that same spot
 24 after Donlin's project was constructed, you would see
 25 three tugs with barges passing you in that same 24-hour

Page 31

1 period.
 2 So it could be three of Donlin's tugs and barges in
 3 their configuration. It could be one of the current
 4 commercial tugs that goes up the river and a couple of
 5 Donlin's.
 6 So as you can see, one of the things we are trying to
 7 depict by this slide is that you can't always rely on the
 8 figures and tables in the document to tell you the whole
 9 story. You remember that I mentioned that Alternative 2,
 10 Donlin's proposed project, and the port site at Jungjuk
 11 versus the Birch Tree Crossing port, Alternative 4, which
 12 is 75 river miles downstream, well, those two alternatives
 13 are contained in the same bar graphs on this slide.
 14 What you can see on the left side, that first bar
 15 graph with the blue above it is a depiction of Alternative
 16 2, Alternatives 4, 5A and 6A and the impacts of Donlin's
 17 project. The blue on the screen is the additional barging
 18 that would relate from Donlin's project.
 19 So for construction, all the alternatives except
 20 Alternative 1 where we permit nothing, all those
 21 alternatives have the same quantity of construction
 22 barging, but it's important to note that while
 23 Alternatives 2 and 4 are combined together in the same bar
 24 graph, remember that Alternative 4 has 75 miles less river
 25 barging going upstream. So the graphs and the tables in

Page 32

1 the document don't tell you everything. It helps to look
 2 back at the text.
 3 On the right side of the screen, you see operations.
 4 Again, we have broken out the bar graphs the same way
 5 between alternatives. What you can see is Alternatives 2,
 6 4, 5A and 6A have the most barge impact in relation to
 7 operations, the shipment of cargo and fuel. And that is a
 8 179 percent increase of barging on the river beyond what
 9 is currently taking place now. But again, remember we
 10 have Alternatives 2 and 4 combined in the same bar graph.
 11 So while they appear to show the same amount of impact,
 12 Alternative 4 does not have the same amount of impact.
 13 And again, as you can see, Alternatives 3A and 3B
 14 reduce the potential impacts of barging simply because
 15 there is less diesel going upstream by barge. So
 16 therefore, there is less barging impacts.
 17 The last couple of slides on Chapter 3 give you a
 18 depiction of the potential environmental analyses of the
 19 project as it's currently proposed. Again, this is the
 20 same scenario that you saw on the other slides where we
 21 have Donlin's alternative, and the other alternatives are
 22 depicted by way of how they might minimize impacts of what
 23 Donlin is proposing.
 24 Alternative 3A has the potential to have less impacts
 25 on fish because if we power the haul trucks with LNG,

Page 33

1 therefore barge less diesel, we have less impact on fish.
 2 Alternative 3B, same thing; even less diesel going
 3 upstream because effectively it's all going through the
 4 pipeline. The only time diesel is going upstream under
 5 this alternative via barge is during construction. And
 6 then Alternative 4, we are just not going as far upstream.
 7 So the next slide shows you the same thing. It just
 8 gives you more indication of the potential for the
 9 alternatives to reduce impacts of the project. But please
 10 note that all we are doing in relation to these series of
 11 slides is giving you an indication of how the alternatives
 12 that we are looking at might reduce impacts in relation to
 13 barging. There are tradeoffs in relation to every other
 14 impact for these alternatives. So in some ways some of
 15 these alternatives have less impact for some resource
 16 issues, and some of these alternatives have more impact
 17 for some resource issues.
 18 Chapters 4 and 5. Chapter 4 talks about the
 19 potential cumulative impacts of a proposed project. What
 20 are cumulative impacts? Cumulative impacts are the past,
 21 present and reasonably foreseeable activities that impact
 22 an area that have to be looked at in relation to a
 23 proposed project.
 24 So for the Yukon-Kuskokwim River region, we looked at
 25 past activities that might relate to what Donlin is

Page 34

1 proposing. We looked at current activities that are going
 2 on or trends that are happening in the regions. And we
 3 look at foreseeable trends and future projects that might
 4 relate to what Donlin is proposing. We combine all of
 5 those together with the potential impacts of Donlin's
 6 project, and we forecast what the impacts might be into
 7 the future. That's what cumulative impacts are. They are
 8 a forecast of what might happen in the future.
 9 What we need to know from you all is: Do we
 10 adequately understand what's happening in the
 11 Yukon-Kuskokwim River region in the past, currently and
 12 coming up in the future, and have we adequately defined
 13 the potential impacts Donlin's project might have?
 14 Chapter 5 is mitigation. Mitigation is how we might
 15 offset the impacts of something Donlin -- a proponent for
 16 a project is proposing to do. Mitigation includes a wide
 17 variety of things.
 18 Donlin includes things in their design like putting
 19 containment berms under and around fuel storage facilities
 20 that are mitigation. It's required by law, but it is also
 21 a form of mitigation. They also have just changed some
 22 designs to avoid some impacts because they just decided
 23 there is a way to do it that has less impact. That's
 24 another type of mitigation. A type of mitigation is the
 25 reclamation that could be done after an activity happens

Page 35

1 and we are restoring the area. And there is a variety of
 2 other types of mitigation that can be developed.
 3 What we would like to know from you all is: Have we
 4 adequately defined, analyzed, disclosed, and drawn the
 5 correct conclusions in regards to the potential ways to
 6 mitigate what Donlin is proposing and potential mitigation
 7 that might be needed for the alternatives that we are
 8 analyzing in the project in the EIS?
 9 I mentioned a poster session. Mr. Alan Bittner with
 10 the BLM will give you his introduction to the ANILCA 810
 11 hearing before we go to the poster session, but I wanted
 12 to give you a little bit of information at this point in
 13 time about the poster session. You can see next to Mary
 14 over here there is three or four posters on the wall that
 15 depict Donlin's proposed project, and then there is nine
 16 other posters around the room that give you information on
 17 the primary resource issues, the primary effects this
 18 project might have.
 19 There is a variety of folks here with me today that
 20 will introduce themselves regarding their role in Donlin's
 21 project and will be able to discuss the potential impacts
 22 of the project in relation to what you see in these
 23 posters and may be able to address some of your questions.
 24 And as I mentioned, after that poster session, then we
 25 will come back and take your formal comments on the draft

Page 36

1 EIS before we go ahead and do the ANILCA 810 hearing and
 2 take your testimony in relation to potential subsistence
 3 impacts of the project.
 4 But the primary thing we're here to do today is to
 5 obtain the most substantive comments we can from you all
 6 regarding the potential impacts of what Donlin is
 7 proposing or any of these alternatives. So what do I mean
 8 by a substantive comment when it comes to a comment on an
 9 Environmental Impact Statement?
 10 Basically what we need to know, whether you are for
 11 the project, whether you are against the project, or
 12 whether you are somewhere in between, we need to know why
 13 you are for it, against it, or somewhere in between. The
 14 reason we need to know why is because that tells us
 15 whether or not the analyses and the draft analyses and the
 16 draft conclusions that are in the Environmental Impact
 17 Statement are adequate. It tells us whether or not we
 18 know what we are talking about, whether or not we have
 19 adequately analyzed the project as it's proposed or the
 20 alternatives. It tells us whether or not we actually have
 21 an understanding of your culture, the economic situation
 22 out here, the situation in relation to subsistence,
 23 et cetera.
 24 In other words, it helps us understand if we got it
 25 right or wrong. It helps us understand if there are

Page 37

1 things we need to change, if there are things we need to
 2 do over, if there are things we need to do more of, things
 3 that we just haven't done that we need to do.
 4 So how do you provide a substantive comment? You can
 5 certainly comment that you are for the project. You can
 6 certainly comment that you are against the project. We
 7 ask, if possible, that you give us that reason why. But
 8 as I mentioned earlier, your comments are largely
 9 responded to in the Final Environmental Impact Statement.
 10 So the comments that we get on the EIS, our responses will
 11 appear in the Final Environmental Impact Statement when it
 12 goes out.
 13 So if I have 100 people that tell me I support the
 14 project, well, if they don't say why, then our response to
 15 that in the Final Environmental Impact Statement is
 16 "comment noted." If I have 100 people that say I oppose
 17 the project but they don't tell me why, then our response
 18 to that in the Final Environmental Impact Statement is
 19 "comment noted." If they say I'm for it because or I'm
 20 against it because, then that gives me some idea of
 21 whether or not we know what we are talking about, whether
 22 or not we did the analyses correct, whether or not there
 23 are more studies we need to do, whether or not the
 24 analyses need to be reworked, just whether or not we got
 25 it right or wrong.

Page 38

1 So the more you can tell us regarding the why, the
 2 more that will help us understand if we know what we are
 3 talking about and if our draft analyses and draft
 4 conclusions are correct or not.
 5 Regarding how you can comment on the Draft
 6 Environmental Impact Statement, obviously you can comment
 7 at this meeting. We have one remaining meeting in
 8 Chuathbaluk next week that you can comment at, either by
 9 being there or calling in. You can email comments to us
 10 at that website. You can mail comments to me. You can
 11 fax comments to us. And on the next slide I'll show you
 12 our website where you can obtain additional information.
 13 On this slide I'll show you that our next meeting is in
 14 Chuathbaluk, but the date obviously has been changed.
 15 Here is the website that shows where you can find
 16 information on the project. As I mentioned, the comment
 17 period is open until April 30. You can find the Draft
 18 Environmental Impact Statement under the EIS documents
 19 tab. You can find old newsletters, project information,
 20 background documents, old presentations that we have done.
 21 My contact information is on the screen. And if you have
 22 matters that are specifically tribal that you would like
 23 to address to our tribal liaison, Ms. Amanda Andraschko,
 24 her contact information is on the screen, and you can
 25 address those to her directly.

Page 39

1 At this point in time, Alan Bittner will give you the
 2 introduction to the 810 hearing that we will be doing in
 3 about an hour, hour and a half. And then we will go to
 4 the poster session.
 5 It will take just a minute for the slide program to
 6 be opened and then we will continue.
 7 **MR. TAYLOR BRELSFORD:** So I think it's a
 8 really special opportunity for the students to come and
 9 join us this afternoon. And you have been really patient,
 10 really attentive. I saw no yawns. I saw lots of paying
 11 attention. Could you tell us a little bit -- I think you
 12 are in high school, by your age. Who is your teacher in
 13 the high school?
 14 **UNIDENTIFIED FEMALE SPEAKER:** Mr. Bader.
 15 **MR. TAYLOR BRELSFORD:** Mr. Bear?
 16 **UNIDENTIFIED FEMALE SPEAKER:** Jessica
 17 Leer.
 18 **MR. TAYLOR BRELSFORD:** Jessica Leer. Boy,
 19 that was way out in left field.
 20 **UNIDENTIFIED FEMALE SPEAKER:** Mr. Bader.
 21 **MR. TAYLOR BRELSFORD:** So what did you
 22 know about the presentation this afternoon before you came
 23 out? What were you thinking we were going to talk about?
 24 This is like the Oprah moment. We walk around the
 25 audience and let you talk. You win door prizes,

Page 40

1 airplanes, snowmachines. It's going to be great. Tell me
 2 what you understood the meeting to be about.
 3 **UNIDENTIFIED FEMALE SPEAKER:** I don't
 4 know.
 5 **MR. TAYLOR BRELSFORD:** Not so sure. Okay.
 6 Let's try another angle. Why is it important for kids in
 7 Holy Cross to be thinking about the Donlin EIS project,
 8 the Donlin Gold Mine? How does it connect to your family
 9 or even your own future in the next few years? Who is
 10 going to be brave?
 11 **MS. DONNE FLEAGLE:** Why did you come?
 12 **UNIDENTIFIED MALE SPEAKER:** [Inaudible.]
 13 **MS. DONNE FLEAGLE:** To get out of class.
 14 That's a good reason. Has it disappointed you?
 15 **UNIDENTIFIED MALE SPEAKER:** No.
 16 **MS. DONNE FLEAGLE:** Did you learn
 17 something about the mine?
 18 **UNIDENTIFIED MALE SPEAKER:** Kind of.
 19 **MS. DONNE FLEAGLE:** Kind of? So have
 20 you -- has it been interesting? No?
 21 **MR. TAYLOR BRELSFORD:** There is only one
 22 answer to that. It was fabulous. I can't believe it, the
 23 most interesting talk ever. Well, we are going to keep
 24 moving, but I think it's -- I wanted to be sure you guys
 25 knew how much we value you sitting in.

Page 41

1 So we are going to turn to another presentation for a
 2 few minutes here and then a chance to walk around with
 3 some of the scientists and talk about things like air
 4 quality or subsistence, stuff like that. But again,
 5 thanks for coming. We appreciate it.
 6 **MR. ALAN BITTNER:** Yes. And thanks to all
 7 of you for being here today, including those of you from
 8 high school. My name is Alan Bittner with the Bureau of
 9 Land Management, and our involvement in the proposed
 10 project is as a cooperator with the Corps of Engineers and
 11 others on this Draft Environmental Impact Statement. And
 12 also because the Alaska National Interest Lands
 13 Conservation Act Section 810 requires that we do a finding
 14 on subsistence impacts, so the BLM has drafted a
 15 preliminary finding of subsistence impacts based on the
 16 project, on the proposed project. And I've got ten slides
 17 here I want to run through and some text.
 18 Forgive me for reading through this. I just want to
 19 be accurate about our preliminary finding, and then we
 20 will move on with the poster session.
 21 One thing we would like to note today, obviously this
 22 project is down along the Kuskokwim River and in the
 23 Kuskokwim River drainage, you know, and from the Crooked
 24 Creek area. But one thing we would like to know, we know
 25 you go south for certain subsistence activities on the

Page 42

1 other side of the river, but we would like to hear not
 2 just how much you travel towards the Aniak area for any
 3 kind of subsistence activities, but do you get over
 4 towards Crooked Creek or that area where the mine is
 5 proposed and would there be any subsistence-related
 6 impacts to those of you living here? So that's an
 7 important thing that we would like to either get comment
 8 on in the draft EIS or a comment directly to the BLM in
 9 the form of testimony or written comment to us, so --
 10 Through this draft EIS process, the BLM determined if
 11 a significant restriction of subsistence uses and needs
 12 may result from any one of the alternatives discussed in
 13 the draft EIS, including the cumulative effects. And we
 14 used three factors for that analysis.
 15 The first one is reduction in the availability of
 16 subsistence resources caused by a decline in population or
 17 abundance of harvestable resources. So this may include
 18 fish, wildlife, edible plants, house logs, firewood or
 19 drinking water.
 20 Factors that might cause a reduction include adverse
 21 impacts on habitat, direct impacts on the resource,
 22 increased harvest and increased competition from
 23 nonsubsistence users.
 24 The second factor in the analysis, reductions in the
 25 availability of resources used for subsistence purposes

Page 43

1 caused by an alteration in distribution, migration
 2 patterns, or location. And the third factor was
 3 limitations on access to subsistence resources, including
 4 limitations from increased competition for resources or
 5 physical or legal barriers.
 6 Donlin Gold, LLC submitted applications to the Bureau
 7 of Land Management for rights-of-way grants in July of
 8 2013 and January of -- July of 2012 -- sorry -- and
 9 January of 2013.
 10 Donlin Gold is proposing to construct operate,
 11 maintain, and close a 315-mile long, 14-inch diameter
 12 buried natural gas pipeline and associated fiber optic
 13 cable from the west side of Cook Inlet to the mine site
 14 near Crooked Creek within the Kuskokwim River watershed.
 15 The proposed 315-mile long pipeline right-of-way
 16 would cross 97 miles of BLM land north and west of the
 17 Alaska Range in the Kuskokwim River watershed. This
 18 represents approximately 30 percent of the total
 19 right-of-way length, the State of Alaska lands
 20 constituting about 65 percent, and ANCSA Corporation
 21 lands -- Calista, The Kuskokwim Corporation and CIRI --
 22 constituting about 3.7 percent.
 23 The pipeline is part of the energy supply
 24 infrastructure for a proposed open pit gold mine located
 25 approximately 10 miles north of the village of Crooked

Page 44

1 Creek. In addition to the pipeline and the mine site, the
 2 Donlin Gold Project will include transportation
 3 infrastructure for barge transportation on the Kuskokwim
 4 River. Two of the six alternatives analyzed in the draft
 5 EIS would affect the pipeline component. Alternative 3B
 6 would substitute a diesel pipeline for the natural gas
 7 pipeline within the same planned right-of-way.
 8 Alternative 6A would route a portion of the pipeline
 9 through the Dalzell Gorge, affecting 46 miles of State of
 10 Alaska lands.
 11 The proposed Donlin Gold Project is evaluated in
 12 three comments: The mine site, transportation
 13 infrastructure, and pipeline. Although the permit
 14 application to the BLM focuses on BLM-managed portions of
 15 the pipeline -- or of the right-of-way, the pipeline
 16 right-of-way, the National Environmental Policy Act, or
 17 NEPA, prohibits splitting the project into smaller
 18 components in order to minimize the estimate of
 19 environmental impacts. For that reason, this review of
 20 impacts of subsistence will address the entire project and
 21 not just the portion affecting BLM permitting.
 22 So I'm going to talk about those three components
 23 real briefly, and then I'm going to give you our
 24 preliminary finding for each one of those components with
 25 regard to subsistence. And again, this is based on

Page 45

1 ANILCA, not on NEPA. So our threshold was a little bit
 2 different.
 3 The preliminary finding, the choices we had for each
 4 of the components was either "may not significantly
 5 affect" or "may significantly affect." And again, this is
 6 just a proposed finding at this stage. We really need to
 7 hear from all of you as well as others in the other
 8 communities we have been in.
 9 So the proposed pipeline includes a 150-foot wide
 10 cleared construction right-of-way; 12 airstrips ranging
 11 from 3,500 to 5,000 feet long, nine of which would be
 12 newly built along the pipeline right-of-way during
 13 construction; nine construction camps; 65 cleared pipe
 14 storage areas; an estimated 70 gravel pits ranging from
 15 one to 50 acres in size. The pipeline would cross seven
 16 watersheds involving 396 stream crossings, 77 of which are
 17 anadromous or salmon-rearing streams. And this is a
 18 picture of the proposed pipeline route in the Windy Fork
 19 portion of the Kuskokwim watershed, and that's in Game
 20 Management Unit 19C.
 21 The proposed mine includes a waste rock facility that
 22 would fill in 2,240 acres of American Creek, a tailings
 23 storage facility that would fill in 2,351 acres of
 24 Anaconda Creek. A tailings storage facility would be
 25 contained behind a 464-foot high dam.

Page 46

1 The mine also has two pits. The ACMA pit would be
 2 approximately 1,850 feet deep from the high wall, and the
 3 Lewis pit would be approximately 1,653 feet deep from the
 4 high wall. The two pits would merge at the surface into
 5 one open pit about 2.2 miles long and one mile wide near
 6 the end of mining operations.
 7 At mine closure, runoff from the tailings storage
 8 facility would be pumped into the open pit. The pit is
 9 estimated to take roughly 50 years to fill, and pumping
 10 would be required to prevent it from overflowing into
 11 Crooked Creek and the Kuskokwim River watershed. The pit
 12 water may or may not meet water quality standards and
 13 would need to be treated before it can be released into
 14 Crooked Creek.
 15 A water treatment plant would be constructed 50 years
 16 after mine closure. Water from the pit lake would have to
 17 be pumped and treated into the wastewater treatment plant
 18 into perpetuity to prevent untreated pit water from
 19 flowing into Crooked Creek and the Kuskokwim River. And
 20 this is an overview of the mine site and the waste rock
 21 facility, the tailings storage facility. And that's in
 22 Game Management Unit 19A.
 23 The proposed transportation facilities component
 24 includes construction of an expanded port facility at the
 25 Bethel cargo terminal, a new port site at Jungjuk Creek on

Page 47

1 the Kuskokwim River with 2.8 million gallons of fuel
 2 storage, a 30-mile long mine access road from the
 3 Kuskokwim River to the mine with 45 stream crossings and
 4 13 gravel pits and a 5,000 foot airstrip at the mine. And
 5 this is a photo on the Kuskokwim River at Jungjuk, and
 6 that's in Game Management Unit 19A.
 7 Barges would supply the mine with fuel and cargo and
 8 involve 64 cargo round trip barges and 58 fuel barge round
 9 trips, or 122 total round trips annually from the Bethel
 10 port site to the Jungjuk port during a 110-day shipping
 11 season, which is approximately June 1 to October 1,
 12 pushing up to a four-barge configuration each trip. Each
 13 fuel barge trip would carry 1.29 million gallons of diesel
 14 fuel. The port at Jungjuk would continue to be needed to
 15 supply fuel and cargo to the water treatment plant
 16 treating water from the pit lake into perpetuity. This is
 17 Jungjuk Creek here where the proposed port and fuel
 18 storage facility would be constructed. And again, that's
 19 in Game Management Unit 19A.
 20 The preliminary analysis of the impacts to
 21 subsistence based on the alternatives outlined in the
 22 draft EIS include all six alternatives outlined. It can
 23 be found in Appendix N of the draft EIS on page 409 of the
 24 .pdf. And that's labeled in the document as Appendix M
 25 through O in the table of contents. And some of you

Page 48

1 received copies of that draft impact analysis to
 2 subsistence, and there is also some copies on the table
 3 over there.
 4 The testimony and input from 11 communities where
 5 public hearings are held on impacts to subsistence from
 6 the proposed Donlin Gold Project will be analyzed and
 7 included in the final ANILCA 810 subsistence impact
 8 evaluation, and that will be included in the final EIS.
 9 So for the evaluation, the following is an evaluation
 10 of the effects of the Donlin Gold Project proposal on
 11 subsistence uses and needs for the mine site, natural gas
 12 pipeline, and transportation infrastructure components of
 13 the project. The subsistence evaluation was done for each
 14 of the project components and looked at the effects on
 15 subsistence uses and needs.
 16 So for the mine site, villages closest to the mine
 17 would potentially experience the most effect to
 18 subsistence, including Napaimute and especially Crooked
 19 Creek. Mining activity such as ore trucks in the mine,
 20 trucks on the port road, drilling, blasting, power
 21 generation and port site activity would likely change the
 22 distribution of wildlife species important to subsistence,
 23 such as moose, caribou and fur bearers. It would be
 24 long-term and would cause potential impacts during the
 25 construction phases and during mining activities

Page 49

1 throughout the life of the mine.
 2 Areas important to Crooked Creek for berry picking,
 3 wood cutting and hunting would be directly affected by the
 4 mine, and adjacent areas would potentially be contaminated
 5 with dust emissions containing various particulate
 6 materials from ore processing and from ore trucks on haul
 7 roads and access roads. This could make the berry picking
 8 areas undesirable or unusable to subsistence users.
 9 A water treatment plant would be built 50 years after
 10 mine closure to treat water from the pit that may or may
 11 not meet water quality standards for fish. Possible water
 12 releases from the mine during operations, after mine
 13 closure when water is being pumped into the pit, and after
 14 the water treatment plant is constructed have a potential
 15 to impact fish from Crooked Creek and the Kuskokwim River,
 16 which could result in significant restrictions to
 17 subsistence resources.
 18 Potential runoff from the tailings dam and pit lake
 19 would have the potential to contaminate fish resources
 20 important to subsistence in Crooked Creek and the lower
 21 Kuskokwim River into perpetuity, impacting subsistence
 22 fish resources important to all communities from Crooked
 23 Creek to the mouth of the Kuskokwim River.
 24 Now, for the natural gas pipeline, the potential
 25 effects to subsistence from construction and operation of

Page 50

1 the natural gas pipeline would affect the villages of
 2 Tyonek, Skwentna, Nicolai, McGrath, Takotna, as well as
 3 downriver villages of Sleetmute, Stony River, Georgetown
 4 and Crooked Creek. During construction, the effects of
 5 clearing the right-of-way, trenching, drilling and the
 6 presence of machinery, pipeline transport, workers in
 7 construction camps and infrastructure on and along the
 8 pipeline right-of-way would cause a redistribution of
 9 moose, caribou and fur bearers and negatively affect
 10 access to subsistence use areas and availability of
 11 subsistence resources.

12 During mine operations, the airstrip that would
 13 remain along the pipeline right-of-way at Farewell would
 14 potentially increase access to subsistence resources by
 15 nonlocal residents using aircraft and increase competition
 16 for those subsistence resources along and adjacent to the
 17 pipeline right-of-way. Villages negatively affected by
 18 increased access to and competition in the area include
 19 McGrath, Nikolai and Takotna.

20 For the transportation infrastructure, the potential
 21 effects to subsistence from transportation infrastructure,
 22 including barging of cargo and fuel and the construction
 23 of a port at Jungjuk on the Kuskokwim River, would affect
 24 all villages on the river from Crooked Creek to the mouth
 25 of the Kuskokwim River.

Page 51

1 Impacts from barging include displacement and
 2 disruption of subsistence activities by barge traffic or
 3 reduced access to subsistence fishing activities and sites
 4 such as set nets, fish wheels and processing rafts along
 5 the river.

6 Subsistence fish resources, salmon and resident fish
 7 species, may also be negatively affected by the magnitude
 8 and intensity of barge traffic proposed in Alternative 2.
 9 Effects to fish may increase when river water levels are
 10 low as barge rafts would need to be uncoupled and barges
 11 towed individually or in pairs, or lighter barge loads per
 12 trip would be required to navigate to the Jungjuk port.
 13 This would require additional barge round trips on the
 14 river and potentially increase impacts to those
 15 subsistence fishers on the Kuskokwim River and to all
 16 subsistence fish resources.

17 So the findings. This evaluation concludes that
 18 Alternative 2 may result in a significant restriction to
 19 subsistence uses for the communities of Crooked Creek and
 20 Napaimute in relation to the mine site; the communities on
 21 the Kuskokwim River from barge traffic on the river,
 22 including Bethel, Napakiak, Napaskiak, Oscarville,
 23 Kwethluk, Akiakchak, Akiak, Tuluksak, Kalskag, Lower
 24 Kalskag, Aniak, Chuathbaluk, Napaimute and Crooked Creek;
 25 and the communities of McGrath, Nikolai and Takotna for

Page 52

1 increased access and competition from nonlocal users at
 2 the Farewell airstrip along the pipeline right-of-way.
 3 In addition, potential spill scenarios involving
 4 ocean and river barge releases of diesel fuel, cyanide,
 5 mercury, tailings dam failure, and release of untreated
 6 water from the pit lake and tailings dam after mine
 7 closure may also result in significant restriction to
 8 subsistence uses for the Kuskokwim River communities
 9 listed above.

10 So the BLM found in this preliminary ANILCA 810
 11 evaluation that Alternatives 2, 3A, 3B, 4, 5A and 6 and
 12 the cumulative case considered in the draft Donlin Gold
 13 EIS may significantly restrict subsistence uses. These
 14 findings require BLM to conduct hearings and to solicit
 15 comments from affected communities and subsistence users
 16 under ANILCA 810(a)(1) and (2) in conjunction with the
 17 release of the draft EIS.

18 So we are going to conduct in a little while after
 19 the poster session and the comment period a brief 810
 20 hearing to receive testimony on how you feel subsistence
 21 uses may be impacted, and that could be positively or
 22 negatively. But if you feel subsistence is impacted in
 23 some way, we welcome your testimony at that time.

24 Following a public hearing, a finding may be revised
 25 to "will not significantly restrict" based on changes to

Page 53

1 alternatives, new information or new mitigation measures
 2 resulting from the hearings. If the finding of "may
 3 significantly restrict subsistence uses" is not revised or
 4 the impacts cannot be mitigated, a three-part
 5 determination must be made before the action can be
 6 authorized.

7 So what do those findings mean under ANILCA? An
 8 810(a)(3) determination section is to be prepared only
 9 when there is a finding of "may significantly restrict
 10 subsistence uses" for the selected alternative or action.
 11 The determination will separately address each of the
 12 three required items under 810(a)(3) and state why the
 13 proposed action is necessary and how the action complies
 14 with each requirement.

15 And the three items required in the determination
 16 are: Why such a significant restriction of subsistence
 17 uses is necessary and how it is consistent with sound
 18 management principles for multiple use of public lands;
 19 how the proposed activity will involve the minimal amount
 20 of public lands necessary to accomplish the purposes of
 21 the Act; and what reasonable steps would be taken to
 22 minimize adverse affects upon subsistence uses and
 23 resources resulting from the project. After compliance
 24 with the 810 process, a manager can proceed with the
 25 action.

Page 54

1 So today when commenting or giving testimony, whether
 2 in writing or during our hearing or during the Draft
 3 Environmental Impact Statement public testimony time
 4 related to subsistence, please consider what additional
 5 specific information about how the proposed mine would
 6 affect abundance and/or availability of subsistence
 7 resources important to you or how it would affect access
 8 to subsistence resources important to you.
 9 And you can also send comments to us directly at the
 10 BLM if you would like. Bruce Seppi, the biologist there
 11 at our office in Anchorage, we can receive them by email
 12 directly to him. That comment period is going to end on
 13 April 30th in conjunction with the comment period on the
 14 draft EIS but, like I said earlier, you are welcome to
 15 provide testimony today, either comments to the draft EIS
 16 or testimony to us during our hearing that we are going to
 17 hold in a little while.
 18 So thanks for coming out today. We appreciate it,
 19 and we would like to hear from you. Thanks.
 20 **MR. KEITH GORDON:** Thank you, Alan. So I
 21 mentioned earlier that the Corps of Engineers has 11
 22 cooperating entities, federal, State, tribal, that are
 23 assisting us in the development of the Environmental
 24 Impact Statement. We have a third-party contractor that
 25 is an international engineering and environmental analysis

Page 55

1 firm that is primarily drafting the EIS and, therefore,
 2 drafting the draft analyses and draft conclusions.
 3 That firm is AECOM, and they have a number of staff
 4 here with us today who have participated in development of
 5 the draft EIS, as I mentioned, the analyses and the
 6 conclusions. Those folks are available to give you some
 7 additional information on their role in the project to
 8 date and give you some information on the information
 9 contained in these posters or potentially to address other
 10 questions you have.
 11 So I introduced myself as an employee of the Army
 12 Corps of Engineers, and Mr. Bittner introduced himself as
 13 an employee of the Bureau of Land Management. We have a
 14 representative from Donlin here. And at this time I'd
 15 like Mr. Taylor Brelsford of AECOM to introduce the AECOM
 16 staff who is here and their roles in the project, as well
 17 as the posters they will be dealing with.
 18 **MR. TAYLOR BRELSFORD:** Thank you very
 19 much. So we are going to move to the poster session in
 20 just a few minutes. And these are clustered together. So
 21 I'd like to start by introducing Jessica Evans who will
 22 stand over here [indicating] and talk about the posters on
 23 the project, more details about the pipeline or about the
 24 mine site. Jessica Evans.
 25 Then let's see. Nancy Darigo will be standing and

Page 56

1 talking with you about the physical environment. She's a
 2 geologist by training and a specialist in things like
 3 seismic risk and so on. She will be standing over in this
 4 corner [indicating] and available to talk with you about
 5 water flow or air quality, water quality, hazardous
 6 chemicals.
 7 Then Dave Every is here, and he's the biology lead
 8 for our team. He will be standing back here [indicating]
 9 with the posters on fisheries impacts and barge traffic,
 10 and they are kind of tied together. Barge traffic may
 11 affect fisheries, so that's Dave's area.
 12 And I'll stand with the socioeconomics and the
 13 subsistence posters. My background is as a social
 14 scientist.
 15 I also want to really highlight the work that Donne
 16 Harris Fleagle does for us. So Donne is from the region,
 17 grew up in McGrath, works as our primary outreach lead
 18 with the communities. I don't know, dozens of meetings,
 19 maybe more, over the last several years with tribal
 20 councils, with communities in tribal conferences to extend
 21 the communication, kind of bring home questions, bring
 22 back answers to people in the community. So Donne has
 23 been really an essential part of what we have been about.
 24 I think I got everybody.
 25 Mary Vavrik is the court recorder, and I think Keith

Page 57

1 has emphasized that this is a chance to really listen
 2 carefully to what you say. So Mary will be taking a
 3 word-for-word record of what you have said, and then that
 4 allows us to analyze and review your comments really
 5 accurately. That's the purpose of having a court recorder
 6 here.
 7 **MR. KEITH GORDON:** Thank you very much,
 8 Taylor. So as Taylor mentioned, before we go to the
 9 poster session, when we come back to take your comments on
 10 the Draft Environmental Impact Statement and when we take
 11 your testimony in regards to potential subsistence impacts
 12 for the 810 hearing, Mary will be documenting your
 13 comments verbatim.
 14 So what we are going to ask is that before you make
 15 comments or give testimony, you state your name clearly so
 16 she has it in the record. If you have any formal
 17 affiliation with any group, entity, et cetera, that you
 18 state that so we know, if you are representing someone,
 19 who you are representing. And then we will capture your
 20 comment to make sure we address it adequately in the EIS.
 21 So because Mary has the most difficult job in the
 22 room, she has to pay attention to everything all the time.
 23 If she needs any of us to repeat anything, stop talking so
 24 she can catch up, et cetera, she can interrupt any of us
 25 just to get what she needs.

Page 58

1 So at this point in time, we will take a break and go
 2 to the poster session. And we usually set aside 30 to 45
 3 minutes for this, but it can be shorter or longer;
 4 whatever you all prefer. So just take a look at whatever
 5 posters you would like to look at, and we will reconvene
 6 when you are ready and start taking your comments.
 7 Thank you.
 8 (Off the record.)
 9 **MR. KEITH GORDON:** We will go ahead and
 10 start the comments session on the Draft Environmental
 11 Impact Statement. And as I mentioned, Ms. Mary Vavrik
 12 from Midnight Sun Court Reporters will be capturing your
 13 testimony. And Mr. Brelsford will bring the microphone
 14 around so you all can make comments. You don't have to
 15 use the microphone, but that assures that Mary has the
 16 best chance of hearing your comments clearly.
 17 Again, please state your name, if you have any formal
 18 affiliation with any group or entity, and then just go
 19 ahead and give us your comments. Who has No. 1?
 20 **MR. NATHAN ELSWICK:** I got No. 1. Good
 21 afternoon. My name is Nathan Elswick. I'm a
 22 representative for the Anvik Tribal Council. I really
 23 didn't have a comment at this time. I think the lady I
 24 spoke with was very helpful on answering my questions.
 25 I had a few things on dust, potential impacts on the

Page 59

1 dust, and especially when we get high winds and
 2 possible -- where the dust is going to be landing.
 3 Another one was what will happen maybe with the
 4 potential problem with a big earthquake, but it sounded
 5 like we are only maybe on one fault line. And I had one
 6 more, but I can't think of it at the time, so --
 7 **MR. KEITH GORDON:** Okay. If you do have
 8 any comments you would like to make, the conversation you
 9 had to address your comments is not part of the record.
 10 So if there is anything you had in that conversation that
 11 you would like us to make part of the record and respond
 12 to, you could go ahead and make those comments. Or if you
 13 got your questions answered, then that's fine if you don't
 14 have anything else you would like to say.
 15 **MR. NATHAN ELSWICK:** Thank you.
 16 **MR. KEITH GORDON:** Okay. No. 2? Donne,
 17 how many numbers do we have out there? Okay. Is there
 18 anybody else who would like to make a comment on the Draft
 19 Environmental Impact Statement? Is there anybody on the
 20 phone who would like to make a comment on the Draft
 21 Environmental Impact Statement?
 22 **MR. RONALD DEMIENTIEFF:** Right here. I
 23 will.
 24 Hello. Good afternoon. This is Ronald Demientieff.
 25 I would like to -- I'm curious about the drainage in your

Page 60

1 bedrock. I notice you are split between Crooked Creek and
 2 the headwaters of the Iditarod River. So as we all know,
 3 water seeps down through the cracks and comes out to the
 4 headwaters of each spring. How are you going to prevent
 5 your holding water that you have contaminated from seeping
 6 through cracks of these streams at the headwaters? And
 7 kind of like if we do end up with a summer of rain -- like
 8 a few years back it rained July, August, September, we had
 9 flood waters. So how are you going to really pump all of
 10 that waste if you have enough water all around you that
 11 you have to contend with?
 12 Also I notice lately we have been having extremely
 13 warm weather, but who is to say when it's going to turn
 14 around and act like winter again and freeze you solid.
 15 And then what do you do with your wastewater? Or where
 16 would you get water to operate your gold mine? Most
 17 headwaters in all tributary creeks that lead to any river
 18 are very important spawning grounds for all types and
 19 kinds of salmon, fish, mink, otter, beaver, everything
 20 indigenous people have been living on here for 10,000
 21 years.
 22 So we have quite an issue here if something does
 23 happen. We can't just walk away. We can't turn our head
 24 back to whatever happens. We have to look at every aspect
 25 of what might happen. This is our future. This is our --

Page 61

1 this is our way of life. And I doubt -- you damage it, I
 2 doubt we will ever get it back. So we need to address
 3 this very carefully. And I'd like to see that tended to.
 4 Thank you.
 5 **MR. KEITH GORDON:** Thank you very much.
 6 Is there anybody else who would like to comment on the
 7 draft EIS? Okay. At this point in time, we will take a
 8 couple of minutes while Mary closes out the file for the
 9 Draft Environmental Impact Statement comments and opens a
 10 file for the BLM 810 ANILCA hearing. And Mr. Alan Bittner
 11 with the Bureau of Land Management will start the hearing
 12 and give you the opportunity to make some -- give some
 13 testimony in regard to subsistence impacts of this
 14 potential project.
 15 Please note that the comments -- you can still make
 16 additional comments on the draft EIS through April 30
 17 through the various means I noted earlier. You can make
 18 comments to BLM on ANILCA 810 subsistence impacts through
 19 April 30th. And please note that when you are making
 20 comments on the EIS or the 810 ANILCA subsistence impacts,
 21 we will share those comments back and forth, the comments
 22 and testimony, and use them for either one, whichever they
 23 are applicable to. But we will make sure we get them
 24 addressed.
 25 (Proceedings adjourned at 3:23 p.m.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I, MARY A. VAVRIK, RMR, Notary Public in and for the State of Alaska do hereby certify:

That the foregoing proceedings were taken before me at the time and place herein set forth; that the proceedings were reported stenographically by me and later transcribed under my direction by computer transcription; that the foregoing is a true record of the proceedings taken at that time; and that I am not a party to nor have I any interest in the outcome of the action herein contained.

IN WITNESS WHEREOF, I have hereunto subscribed my hand and affixed my seal this 12th day of April 2016.

MARY A. VAVRIK,
Registered Merit Reporter
Notary Public for Alaska

My Commission Expires: November 5, 2016